In The Matter Of:

In the Matter of the Navigability of the Verde River
04-009-NAV

Administrative Hearing, Volume 5
December 19, 2014

Coash & Coash, Inc.
1802 N. 7th Street
Phoenix, AZ 85006
602-258-1440
www.coashandcoash.com

Coash & Coash
PHOENIX DEPOSITION REPORTERS®
& VIDEOCONFERENCING

To open files, click on the desired file type in bookmark on left.
For quick saving or searching multiple files, click attachments tab (or paperclip) on left.
For best viewing/searching, use Adobe Reader/Acrobat ver. 9 or higher
(www.adobe.com).