

*In the Matter of the Navigability of the Verde River  
NO. 04-009-NAV*

---

*Administrative Hearing, Volume 6  
February 18, 2015*

---

*Coash & Coash, Inc.  
1802 N. 7th Street  
Phoenix, AZ 85006  
602-258-1440  
[www.coashandcoash.com](http://www.coashandcoash.com)*



To open files, click on the desired file type in bookmark on left.  
For quick saving or searching multiple files, click attachments tab (or paperclip) on left.  
For best viewing/searching, use Adobe Reader/Acrobat ver. 9 or higher  
([www.adobe.com](http://www.adobe.com)).