

*Navigability of the Salt River*  
*Nos. 03-005-NAV and 04-008-NAV / Consolidated*

---

*Administrative Hearing - Volume 5*  
*November 17, 2015*

---

*Coash & Coash, Inc.*  
*1802 N. 7th Street*  
*Phoenix, AZ 85006*  
*602-258-1440*  
*[www.coashandcoash.com](http://www.coashandcoash.com)*



To open files, click on the desired file type in bookmark on left.  
For quick saving or searching multiple files, click attachments tab (or paperclip) on left.  
For best viewing/searching, use Adobe Reader/Acrobat ver. 9 or higher  
([www.adobe.com](http://www.adobe.com)).