

*In the Matter of the Navigability of the Verde River
NO. 04-009-NAV*

*Administrative Hearing, Volume 12
March 30, 2015*

*Coash & Coash, Inc.
1802 N. 7th Street
Phoenix, AZ 85006
602-258-1440
www.coashandcoash.com*



To open files, click on the desired file type in bookmark on left.
For quick saving or searching multiple files, click attachments tab (or paperclip) on left.
For best viewing/searching, use Adobe Reader/Acrobat ver. 9 or higher
(www.adobe.com).